

## **In The Matter Of:**

*SunZia Transmission LLC/SunZia Southwest Transmission  
Docket No. L-00000YY-15-0318-00171 - LSC 171 Amended*

---

*Evidentiary Hearing, Voume I  
September 6, 2022*

---

*GLENNIE REPORTING SERVICES, LLC  
1555 East Oranewood Avenue  
Phoenix, Arizona 85020  
602.266.6535 Office 877.266.6535 Toll Free  
[www.glennie-reporting.com](http://www.glennie-reporting.com) [admin@glennie-reporting.com](mailto:admin@glennie-reporting.com)*

To open files, click on the desired file type in bookmark on left.  
For quick saving or searching multiple files, click attachments tab (or paperclip) on left.  
For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher  
([www.adobe.com](http://www.adobe.com)).